

*In the Matter of the Navigability of the Gila River*  
*03-007-NAV*

---

*Transcript of Proceedings, Vol. IV*  
*June 19, 2014*

---

*Coash & Coash, Inc.*  
*1802 N. 7th Street*  
*Phoenix, AZ 85006*  
*602-258-1440*  
*[www.coashandcoash.com](http://www.coashandcoash.com)*



To open files, click on the desired file type in bookmark on left.  
For quick saving or searching multiple files, click attachments tab (or paperclip) on left.  
For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher  
([www.adobe.com](http://www.adobe.com)).